

**ABUSE IN CARE ROYAL COMMISSION OF INQUIRY  
LAKE ALICE CHILD AND ADOLESCENT UNIT INQUIRY HEARING**

**Under** The Inquiries Act 2013

**In the matter of** The Royal Commission of Inquiry into Historical Abuse in State Care and in the Care of Faith-based Institutions

**Royal Commission:** Judge Coral Shaw (Chair)  
Ali'imuamua Sandra Alofivae  
Mr Paul Gibson

**Counsel:** Mr Simon Mount QC, Ms Kerryn Beaton, Mr Andrew Molloy,  
Ms Ruth Thomas, Ms Finlayson-Davis, for the Royal  
Commission  
Ms Karen Feint QC, Ms Julia White and Ms Jane Maltby  
for the Crown  
Mrs Frances Joychild QC, Ms Alana Thomas and Tracey Hu  
for the Survivors  
Ms Moira Green for the Citizens Commission on Human  
Rights  
Ms Susan Hughes QC for Mr Malcolm Burgess and Mr  
Lawrence Reid  
Mr Michael Heron QC for Dr Janice Wilson  
Ms Frances Everard for the New Zealand Human Rights  
Commission  
Mr Hayden Rattray for Mr Selwyn Leeks  
Mr Eric Forster for Victor Soeterik  
Mr Lester Cordwell for Mr Brian Stabb and Ms Gloria Barr  
Mr Scott Brickell for Denis Hesseltine  
Ms Anita Miller for the Medical Council

**Venue:** Level 2  
Abuse in Care Royal Commission of Inquiry  
414 Khyber Pass Road  
AUCKLAND

**Date:** 16 June 2021

---

**TRANSCRIPT OF PROCEEDINGS**

---

**INDEX**

<b>KEVIN BANKS</b>	167
<b>WALTON JAMES MATHIESON-NGATAI</b> Questioning by Ms R Thomas	180
<b>BRYON MALCOLM NICOL</b> Questioning by Ms Joychild QC	202
<b>BARRY SINCLAIR PARSONSON</b> Questioning by Ms R Thomas	216
Questioning by Ms Feint	234
Questioning by Commissioners	240
<b>BRUCE ROBERT GIBSON, VICTOR KENNETH BOYD, MICHAEL VICTOR FERRISS</b> Questioning by Ms Green	244

1 **MS JOYCHILD:** Commissioners, I'd like to introduce Bryon Malcolm Nicol and his wife Jane  
2 Nicol.

3 **BRYON MALCOLM NICOL**

4 **CHAIR:** Hello, hello Jane. Welcome, thank you for coming and I think you prefer to be called  
5 Nic is that right?

6 A. Yes.

7 **Q.** Is it all right if you call you Nic?

8 A. Yes.

9 **Q.** Nic, I'm just going to ask you to take the affirmation, is that all right? When I say take the  
10 affirmation, I'm going to read it to you and ask you to agree, is that all right?

11 A. [Nods].

12 **Q.** Do you solemnly, sincerely, truly declare and affirm that the evidence you'll give before  
13 this Commission will be the truth, the whole truth and nothing but the truth?

14 A. Yes, your Honour.

15 **Q.** Thank you, and don't call me Your Honour, please. I'll call you Nic if you don't call me  
16 Your Honour, how's that, is that a bargain?

17 A. Yeah.

18 **Q.** All right, I'll leave you to Ms Joychild.

19 **QUESTIONING BY MS JOYCHILD:** Okay, Nic, you are going to read your statement aren't  
20 you?

21 A. Yes, I am.

22 **Q.** So we will start at paragraph 2 but just before then to give the Commissioners an overview,  
23 you were 12 when you went into Lake Alice?

24 A. Yes.

25 **Q.** You were there for six months?

26 A. Yes.

27 **Q.** And you went in in 1973, so again, one of the fairly early ones into Lake Alice?

28 A. I was born on GRO-C 1961. I'm now 60. Just had my birthday. I was seventh of eight  
29 children. My sister who supported me in this claim is the oldest and, yeah, the oldest. And  
30 my father was an alcoholic and GRO-B. We moved around a bit, a lot to various places in  
31 the South Island. That made it hard to settle down and have friends. Basically I didn't have  
32 a good family childhood.

33 What made it even worse for me was that I was super hyperactive child. I was

1 wired all the time, I was just about jumping off the walls, I had so much energy. I think it  
2 would be called today ADHD. I was always being punished for it but I couldn't do  
3 anything about it because of this, I had a very hard time at school. By the age 11 I was in  
4 Child Welfare care, I was worried all the time and very emotionally insecure because of a  
5 troubled family life. Two other siblings and --

6 **Q.** Two other siblings were in care also?

7 **A.** Yes, both -- two of my sisters, twin sisters were brought up by an aunt. I was in other  
8 homes besides Lake Alice but Lake Alice was way worse. Being in care made me feel I  
9 was just a piece of shit to the staff and authorities. There was never a caring environment  
10 and I never felt cared for or that anyone valued me.

11 I had a disability. Instead of love and care and help I got cruelty, torture and was  
12 made to feel a worthless human being.

13 My first placement was at Stanmore Boys' Home in Christchurch. I don't  
14 remember anything that happened there. After a couple of months there I was moved on.

15 I next went to Holdsworth. I acted up even more than usual at Holdsworth  
16 because of being so upset at being taken away from my family. I was homesick, I ran away  
17 from there and was returned and put in a secure room.

18 When I was 12 I was back in the family for a break, I got into trouble breaking and  
19 entering. There was also an incident when I climbed to the top of the Barbadoes Street  
20 cathedral church in Christchurch. I was just being naughty. When I got to the top I thought  
21 it would be funny if I called out and said I was going to jump, going to kill myself. I was  
22 just trying to get attention, I was upset because my parents were taking my sister to see  
23 husband in an Invercargill Borstal. I'd had a lot of troubles in my life. My parents were not  
24 easy, were incapable of looking after us. I'd been in care and hated it.

25 I remember being taken to Lake Alice by a social worker from Holdsworth I think  
26 it was because they did not know how to control me. I was only 12. I understood it was  
27 going to because there was something wrong me and Lake Alice was going to fix it.

28 **Q.** Just pause you there, Nic. Could we put up document 002 which is the record of your  
29 admission. The admission said that Bryon was admitted because he had a history of  
30 hysterical suicide gestures. Bryon, how many hysterical suicide gestures had you done by  
31 that time?

32 **A.** From what memory I've got left that's the only one I know of, yeah.

33 **Q.** Only one?

34 **A.** Only the once.

1 **CHAIR:** Was that at Barbadoes Street was it?

2 A. Yeah.

3 **QUESTIONING BY MS JOYCHILD CONTINUED:** And in there it also said on your  
4 admission you were finding it hard to settle and you'd come to the adolescent unit for a  
5 brief period.

6 A. Yes.

7 **Q.** Okay. So can we now start at paragraph 11. Can you go down to that third line, where you  
8 say it was an informal admission.

9 **CHAIR:** Just is it possible to bring this up or are you having trouble? Just waiting to see if we  
10 can get the paper up on the screen so everybody can see it, but it might not be possible. If  
11 it's not we'll just carry on.

12 A. There is also a record that Dr Leeks saw me on 26 June 1973 and told me he wanted me to  
13 come to Lake Alice. I don't have any memory of this. The first memory I have of seeing  
14 him I had a rubber guard in my mouth and he was about to give me ECT for the first time.  
15 I think I was there from 26 June to 20 December.

16 **Q.** Hang on, it's popped up. So just have a wee look there. So Nic, that's the document that  
17 was written up when you were put into hospital where it talks about hysterical type suicidal  
18 gestures.

19 **MS JOYCHILD:** And that the diagnosis was hysterical character disorder. And the only  
20 background to that was the Barbadoes Street incident.

21 **CHAIR:** Thank you.

22 **QUESTIONING BY MS JOYCHILD CONTINUED:** So if you could start at paragraph 12 Nic.

23 A. I regularly received ECT at Lake Alice. The first time I didn't know what I was in for, so  
24 when they called my name when we were all in the day room, I willingly climbed the stairs  
25 with the nurse. After that, I was like the other boys. I had to be dragged up. I was terrified  
26 all the time of getting it. I got it heaps of times.

27 The ECT was always unmodified. I never got any anaesthetic or muscle relaxant  
28 beforehand. It usually happened on a Friday. I believed it was for punishment. If I did  
29 something bad during the week I would definitely get it. Some weeks I got it even when  
30 I didn't think I'd done anything wrong.

31 I would be in the dining room having lunch and if my name was called out I had to  
32 stay. Once everybody else left, I would be called a second time and taken to the day room  
33 where we were locked in so we couldn't escape. After a while, the nurses would come  
34 down and drag me upstairs. I was often so petrified that I had soiled myself. They would

1 put a mouthguard in my mouth and hold me down while Dr Leeks gave me ECT.

2 The ECT would give me vicious pains in my head and make me feel dizzy. As it  
3 continued the pain got worse, my arms and legs flailed about. It was absolute agony.  
4 You'd have fuzzy lines running through your brain. I'm not sure how long the ECT lasted  
5 each time. It was very hard to keep track of time. It seemed that how long you got it for  
6 depended on how bad the staff thought you had been during the week.

7 After ECT I would be in a state of shock for several hours -- that is how long it  
8 would take me to recover. I would normally be taken to the day room but if I was really  
9 bad I'd be taken to my bed.

10 **Q.** Nic, I'm just going to pause you there, we'll have another attempt to bring up a document  
11 which is one of the nursing notes, an entry in the nursing note. If we look at the note dated  
12 6 September 1973, what a nurse has written is that:

13 "Bryon has been the cause of many upsets over the last few days. Has the habit of  
14 showing off in front of the girls in class, annoying others during work periods and  
15 extremely argumentative even when he's at fault. Perhaps a further talk with Dr Leeks and  
16 a session of Ectonus Therapy is indicated."

17 So you've seen that note, haven't you; have you got any comment on it?

18 **A.** No, I -- no, I don't.

19 **Q.** So you were never told you were getting it because you were showing off to the girls?

20 **A.** No, you just got what was given to you, had no control.

21 **Q.** Thank you. We'll now continue, paragraph 17?

22 **A.** I tried to run away once and Dr Leeks gave it to me on my feet as punishment. I recalled  
23 this memory of this when I was being interviewed by the Police last year. In some ways,  
24 the pain was worse because it ran up into the rest of my body, whereas when you had it in  
25 the head, it stayed there. I believe this is why I have trouble with pins and needles in my  
26 legs. My nursing notes say that I received ECT three times. I received it way more than  
27 that.

28 Not long after being admitted to Lake Alice another patient who was about 14 or  
29 15, I won't name him, came on to me and made advances. He asked me to perform  
30 indecent acts on him. I wouldn't and told staff but they punished me for lying by making  
31 me have more ECT.

32 A few days later said person raped me. He did this about three times over the next  
33 six weeks. When I told staff they just laughed and called me a liar. He stopped when he  
34 found somebody else to do it to. All the boys knew what he was up to and cringed when he

1 walked by.

2 I don't remember being given any drugs at Lake Alice, however there is mention  
3 in my medical notes that I received Paraldehyde. I believe this is true as I know I have  
4 blocked out so much. The worst things I recall was getting ECT and being raped.

5 Except for being locked in the day room before ECT, I don't recall ever being put  
6 into seclusion or cells.

7 Dr Leeks. I only met Dr Leeks when he gave me ECT. I was terrified of him. I  
8 would see his Combi van pulling up to the grounds and terror would run through me. I  
9 don't remember meeting him at any time on a one-to-one.

10 I don't remember the names of any other boys. I didn't make any friends. I was in  
11 such a state of terror and misery every minute of the day the only thing I could focus on  
12 was survival.

13 **Q.** Just take a deep breath.

14 **A.** I don't remember the name of any of the staff for the same reason. I do remember being  
15 one who was nice to me who took me out a few times on outings and he took me to  
16 Wellington. However, now I wonder if he was just grooming me for sex.

17 I don't remember ever going to school at Lake Alice. I left my final school and  
18 could not read or write. I only learned to read in jail, I taught myself.

19 I vaguely remember getting credits if we were good that we could spend at the  
20 shop. I will always vividly remember once at meal time a mentally disabled boy was  
21 masturbating under the table and all of a sudden a staff member came over and injected him  
22 in his penis right there in the middle of the dining room. It was the same table I was --  
23 I saw the whole thing, the boy screamed the most horrifying screams I have heard apart  
24 from those of having ECT. It was the most horrible thing. It is one of the memories that  
25 won't go away.

26 I remember another mentally disabled boy who would laugh all the time.  
27 I remember watching him get ECT and he was laughing even after it. Then Dr Leeks  
28 pushed the button and knocked him out completely.

29 I don't recall thinking that Māori boys were treated any different to the rest of us.

30 You were allowed to call home. I rang mum often. I told her what they were  
31 doing to me but she didn't believe it. I would also complain to mum when I went home for  
32 the holidays. I told anyone and everyone what was happening to me.

33 **Q.** I'll just pause you there Bryon. We will put up a letter that your mother wrote, document  
34 005. If we can start at the beginning of it. Perhaps, Bryon, if you read paragraph 31 first.

1 A. Read paragraph 31 first. My mum wrote to Dr Leeks to complain about the lack of  
2 information about my progress when I was in Lake Alice. There is no date on the letter, but  
3 it would have been when I was there.

4 Q. Okay, we'll just pause you there. That's a letter that -- is that your mother's handwriting?

5 A. I assume so.

6 Q. It's got your mother's name on it?

7 A. Yeah.

8 Q. She writes, "As you have our son, Bryon -- and it's written to Dr Leeks, although you can't  
9 see that at the top -- as you have our son Bryon Malcolm Nicol under your care we were  
10 wondering if there was a possibility of our obtaining any information as to his illness and  
11 possible future well-being. Our area Child Welfare Officer does not seem to receive very  
12 much of any information about Bryon. He did not even know he was in hospital until I  
13 rang him after receiving a letter from Bryon.

14 Also, Bryon has told us that he has had ECT. Whether this is true or not we don't  
15 know. Mr Manther could not enlighten us as he didn't know whether it was true or not.  
16 I wondered if you knew that Bryon had had an ECG at Dunedin Public Hospital in 69,  
17 would have been between February or thereabouts." And then he(sic) said "My husband  
18 remembers you when he was a patient at Cherry Farm" and discusses that.

19 Then later on if we go to paragraph 3. So mum is wondering if Bryon has had  
20 some problems based on his past and her pregnancy. Then at the end of paragraph 3 she  
21 says, mum says that:

22 "Bryon, until he became a State ward no-one took any notice of me. Lack of  
23 security and also the fact that he was actually taken before a Magistrate in the Children's  
24 Court have not helped him at all. In fact I would consider it all to have been major factors  
25 in his emotional disturbance.

26 I know Bryon is very sensitive, thin skinned, but he has never had the  
27 opportunities to develop what skills he does possess. He stayed with friends in Wellington  
28 twice and never had a moment's trouble. Stayed with friends and nothing but trouble.

29 I only hope you may be able to give us some information and tell us if he would be  
30 allowed home for a holiday. I know he's a State ward but after all, I am his mother and I've  
31 carried the burden while doctors -- and she gives an exception, Dr Kincade in particular --  
32 and other officials with the exception of the public health nurse in Mosgiel laughed about  
33 Bryon needing some expert help and attention."

34 So your mum's written a letter to Dr Leeks explaining a bit about you and why you

1 are the way you are.

2 A. Yes.

3 Q. She's not said anything about you having a mental illness, has she?

4 A. No.

5 Q. Okay. Now you were up to paragraph 31 and we were at the third line.

6 A. Third line. There is a 1977 letter to Dr Pugmire, the medical superintendent at Lake Alice,  
7 from Dr Mirams asking about an allegation that mum called Lake Alice at Christmas 73  
8 and was told my care was none of her business, I was a State ward. The response from  
9 Dr Pugmire accepts this is the sort of thing she would have been told at the time.

10 Q. Okay, we'll pause you there and look at the letter. So obviously your mum's been upset that  
11 she hasn't got news from Dr Leeks, she's written to the Director-General of Health, she's  
12 asked the superintendent, Dr Pugmire, to reply and explain the story. And Dr Pugmire  
13 writes:

14 "Replying to your inquiry, our records show the above patient was admitted  
15 informally and discharged on such and such a date. At the time he was 12 years of age and  
16 diagnosed as suffering from hysterical character disorder. Once again, the fact that you had  
17 a history of suicidal gestures is repeated when it's not true. Plus a great deal of breaking  
18 and entering and petty thieving."

19 So he goes on and describes your history and then he says in the second paragraph.  
20 Regarding the mother's allegation that at Christmas 1973 she rang the hospital to inquire  
21 whether her son was a patient and she was told 'he is a State ward, it's none of your  
22 business' Dr Pugmire writes:

23 "Although the quotation of the words may not be quite accurate, I would think that  
24 is the sort of thing that would be said at that particular time because the theoretical basis of  
25 therapy was that children's illnesses were caused by their parents and parents, children and  
26 therapists should be under no delusions as to the truth of this matter. The intensity of  
27 hostility towards parents was very high and it was because of complaints of this nature that  
28 I tried so hard and so continuously to bring about changes."

29 Then he talks about the fact that there are now changes, this is in June 77, four  
30 years after Bryon was there. Now Bryon, we now understand your mother wrote to Lake  
31 Alice many times, didn't she?

32 A. Yes.

33 Q. And she was told by a social worker that you had not had ECT?

34 A. Yeah, Lewis Marshall, Department of Social Welfare at the time. He laughed at mum. He

1           laughed at me.

2   **Q.**    How do you feel about that now?

3   **A.**    I don't know, I'm angry, wild, you know, upset, been degraded. Yeah.

4   **Q.**    Okay.

5   **CHAIR:** Are you all right to carry on Nic?

6   **A.**    Yeah, I'm all right.

7   **QUESTIONING BY MS JOYCHILD CONTINUED:** We'll just read now from paragraph 32,  
8           about your life after Lake Alice.

9   **A.**    I was discharged from Lake Alice on 20 December 1973. I was 12 years old. I was  
10          released to a foster care in Levin. That didn't last very long before they asked for me to be  
11          removed.

12                 I was sent to Hokio Beach Boys' Home. I think I was sent there because my  
13          behaviour had still not improved. I was irritable and angry because of what happened to  
14          me. When I first arrived there I was rolled in a blanket and the other boys beat the shit out  
15          of me.

16                 I remember at Hokio I had done something wrong. I may have broken into a staff  
17          member's car. I was made to be in a push up position holding my body at half mast for  
18          over an hour. It was agony.

19                 Kohitere. I was then sent to Kohitere Boys' Home in Levin. Again, I had an  
20          initiation ritual. This one did not involve a blanket, I was beaten up pretty badly. I still  
21          have scars on my face from it. I did about 18 months there, the staff knew it was happening  
22          but they turned a blind eye.

23                 I lost a finger at Kohitere, it was in a woodwork shop. Someone came up behind  
24          me and said, "All going okay?" And gave me a slap on the back. My hand went through  
25          the blade on the bench saw I was using at the time. I got ACC cover for it, but it was only  
26          \$1,400. After the incident I tried to do a runner and ended up being put in the pound for it.

27                 At the age of 15 I was sent back to my parents in Gore. I remember again telling  
28          my parents about the ECT in Lake Alice, but they never believed me. They thought I was  
29          making up stories.

30                 I went to St Peter's College but only lasted a few weeks before getting expelled.  
31          I rebelled against authority because of Lake Alice. I tried to run a teacher over in my  
32          friend's Mini because the teacher threatened to cane me which I saw as a form of authority.  
33          The Police were involved.

34                 Lookout Point Boys' Home, Dunedin. Social Welfare then sent me to Lookout

1 Point Boys' Home in Dunedin. Eventually I was sent back home.

2 Family visits when in boys' homes. In all my time in boys' homes apart from  
3 Stanmore Road I can only remember two family visits.

4 **Q.** Can I pause you there, Bryon. Was part of that because you were -- your family was in the  
5 South Island?

6 **A.** Yeah, I think so, I had a brother down in Wellington, my oldest brother at the time. And he  
7 was the only one I saw there. It was Kohitere.

8 **Q.** Right.

9 **A.** I just -- yeah, sorry, it's --

10 **Q.** No problem.

11 **CHAIR:** I think the point is, Nic, that you hardly saw your family when you were at boys' homes,  
12 is that right?

13 **A.** I hardly saw them at all.

14 **Q.** At all, yeah.

15 **A.** Yeah, the only time I saw family members was, as I say, when I was at home on holiday,  
16 or, as I say, my brother came and see me once and my sister came and seen me once at  
17 Kohitere. That's the only family visits that I know of.

18 **Q.** That's over some years?

19 **A.** It was over a couple or three years, yeah, something like. So I never saw my family  
20 members or anyone.

21 **Q.** It's very tough, isn't it.

22 **A.** It was -- yeah, I shouldn't have been put through it, none of us should have been.

23 **Q.** No. I agree. Are you okay?

24 **A.** Yeah, yeah. Where are we.

25 **QUESTIONING BY MS JOYCHILD CONTINUED:** We're at paragraph 41.

26 **A.** Leaving State care. When I first started working I worked twice as hard as anyone else as I  
27 was always trying to prove myself. I was always trying to please people too. I would do  
28 anything for anyone. Later that was to the detriment of my family. I also couldn't handle  
29 stress. I started heavy drinking and taking drugs. I was trying to block out everything that  
30 happened to me.

31 In 77 I was imprisoned for 11 months for driving while disqualified. I went  
32 through so many hidings at borstal, I can't remember why. My head smashed by another  
33 boy at the time -- one of the times.

34 Drinking and wandering. For the next seven years I roamed up and down the

1 South Island. I was really lost because of what my childhood and especially Lake Alice  
2 had done to me. Over those seven years I got one driving conviction for drink driving and  
3 jail term for driving while disqualified.

4 My eldest child, stepdaughter, was born in 83. In 85 I voluntary went to  
5 Claremont Recovery Centre to sort out my alcohol problem. I spent four or five months  
6 there and decided to start a new life in Oamaru. I did spent one last time in jail Christmas  
7 85 for failure to pay fines.

8 While in Oamaru in 1986 I met my wife. She has been in State care as a teenager,  
9 forced to give up her baby which she conceived while in care. She understood me. She  
10 was endlessly patient with me. I believe I would be dead long ago if it wasn't for her.

11 Our son was born in 1987 and I got married on 11 June 88. Things really began to  
12 settle down for me. My youngest child, my son was born in 89. I spent most of the 90s  
13 working in construction, transformer maintenance and dairy farming. We moved to  
14 Southland in 95. I loved dairy farming and was very good at it. You would have to work  
15 80 hours a week in the spring but only 15 to 20 hours a week in the winter.

16 Taking a claim about Lake Alice. I was working in a cow shed in 97 when I heard  
17 on the radio that some people were taking a claim about their time in Lake Alice. I listened  
18 again that night and rang the station straight away. I was put on to GRO-B GRO-B  
19 eventually he handed the case over to Grant Cameron as there were too many of us.

20 **CHAIR:** Can I just check the date?

21 A. 1977.

22 **Q.** It can't have been 1977.

23 A. 97.

24 **MS JOYCHILD:** 1997 apologies.

25 A. 97, sorry.

26 **CHAIR:** That makes much more sense, doesn't it.

27 **MS JOYCHILD:** That's my mistake not yours.

28 A. That's why I corrected it as I went through it.

29 **CHAIR:** Good thank you.

30 A. Where am I?

31 **QUESTIONING BY MS JOYCHILD CONTINUED:** Paragraph 48.

32 A. In October 2001 I received \$64,912 settlement from the Crown for my abuse at Lake Alice.  
33 Grant Cameron charged me \$27,556 in legal fees. I thought it was way too much and

1 unfair and thought the Government would pay for them in the settlement. Later I learned  
2 that the Government had paid for the second lot of claimants but not ours.

3 **Q.** Just pause you there. We'll look at the statement you got from Grant Cameron, document  
4 007. So this shows that a total of 65,000 was paid to you and the fee on the attached  
5 invoice is 25,900 and then there were disbursements of 1597. So the amount that you got  
6 was 36,839. How did you feel about getting that amount when so much was taken off?

7 **A.** Really the money wasn't an issue. He took what he took, but my output from the start has  
8 always been public apology to us for what was done to us and an assurance it would never  
9 happen to a child again, because we were only kids, we were babies. Money's not an issue.

10 **Q.** You have said in your statement, though, that it was unfair that the Government didn't pay  
11 your legal fees?

12 **A.** Yeah, they should pay the fees. We were only a trial case, I can't even say we won. It was  
13 a deal brokered between him and the Government at the time.

14 **Q.** How involved were you with the opportunity to settle your case? Were you involved in the  
15 negotiations? How did you find out what the offer was?

16 **A.** Just by letter and then my sister, Mary, she's the one that, as I say, did all the work and,  
17 yeah, it just didn't seem fair, it didn't seem right, you know, what was taken from us can  
18 never be replaced.

19 **Q.** Okay, now at paragraph 49?

20 **A.** After giving my statement for the case I had a break-down. I was reliving all the trauma.  
21 My doctor -- I was reliving all the trauma. My doctor at the time gave me an antidepressant  
22 Aropax 20 -- sorry, Aropax, and his attitude was that shit happens and I had to get on with  
23 my life. I had a severe allergic reaction to the Aropax.

24 **Q.** Did you stop taking it?

25 **A.** Yeah, well, I moved from the size I am now to like a balloon, I just -- my whole body just  
26 swelled up, so I was lucky to walk away from that one.

27 **Q.** Paragraph 50?

28 **A.** 20/20 documentary. I took part in a TV documentary on what happened in Lake Alice in  
29 2001. Grant Cameron had asked if we wanted to talk to the media and I had said yes. The  
30 TV people flew me up to Lake Alice. I showed the crew around the buildings and what had  
31 happened in the buildings. There was a nurse and a journalist and a woman who had been  
32 in Lake Alice as a teenager. We pointed out dormitories, the day rooms and the ECT room.  
33 I fell to pieces after visiting Lake Alice again and doing the documentary. I had a total mental  
34 break-down this time. I went from being a healthy, fit dairy worker to being an old man

1 almost overnight. I was a human wreck. I had lost lots of weight, I had a very  
2 understanding boss but I just couldn't handle the stress. I would go overboard, I could not  
3 work. I had to go on an invalid's benefit. I have been on Income Support ever since.

4 ACC. In January 2002 I was granted ACC cover for the rape on me in Lake Alice  
5 but nothing for anything else that happened there. I remember an assessor telling me that  
6 they would only cover me for the rape and made me repeat that the cover was only for the  
7 rape.

8 Effects of Lake Alice on my life. Nerve and body pain. My life had been totally  
9 screwed up following the treatment I got at Lake Alice. I have lots of pain all the time. It  
10 started when I came out of and has got worse over time. I have terrible pins and needles in  
11 my feet and over the years they have gone up my legs. Often the only way I can get relief  
12 is to sit on my legs and feet tucked up behind me for my legs to go numb so I wouldn't --  
13 yeah. My muscles are all knotted up, they start knotting up in Lake Alice and have never  
14 stopped.

15 Intrusive memories. I am still haunted by the trauma of Lake Alice. I live it in my  
16 mind and body daily. In particular the memories of being raped, of the mentally disabled  
17 boy being injected in his penis, the site and smell of urine, faeces swelling up in our pants  
18 dripping down our legs while waiting for ECT and begging for help from being sexually  
19 abused but being called a liar and being punished for it. These are the worst memories.  
20 They flash up daily.

21 Severely damaged memory. My memory has always been totally shot, really  
22 screwed up since Lake Alice. I can't remember the simplest things. I believe this is  
23 because of the ECT. I will forget how to do simple things all the time, even when I have  
24 seen my wife doing it 100 times. I forget what she said to me. I've been through so much  
25 trauma it's difficult to recall everything that happened to me.

26 Lack of trust. I have a huge trust issue with people. My wife has suffered for this.  
27 It is very hard to be a trusting inmate -- hard to trust to be intimate. I was taught to protect  
28 myself no matter the cost to those around me.

29 We have been married since 88 and up until recently I haven't told her much about  
30 Lake Alice at all. I've told her the details about three years ago for the first time. Because I  
31 was taught that telling the truth was wrong and I was punished with ECT for it -- where  
32 am I.

33 **Q.** Paragraph 58 second line?

34 **A.** I have gone through life lying to those I love. Because they, the Government, taught me to

1 lie. I have unknowingly taught my children to lie and they have done the same to their  
2 children.

3 My kids -- inability to parent well, impact on children. My kids suffered for this.  
4 I have led a very unsettled life with 30 moves while the kids were at home. I wasn't a good  
5 father. Nobody ever taught me how to be a father. I found the noise difficult and I wanted  
6 to withdraw from them all the time. I couldn't cope with their needs because I wasn't able  
7 to cope with my own. I was coping with my trauma all the time.

8 I am a recovering alcoholic. I started drinking to numb memories. I am proud that  
9 I haven't drunk alcohol for 14 years, thereabouts.

10 Because of the very limited food we were given in care, meat and three veg, I have  
11 difficulty trying new foods. It has taken 30 years to let my wife use garlic in cooking, let  
12 alone herbs and spices.

13 What I want from the Royal Commission. For me this case has always been about  
14 a proper apology from the Government and to make sure it never happens to a child again.  
15 That is my priority.

16 I have had years of lost income as a result of my so-called treatment. I think the  
17 Government should compensate me for this. I also want my legal fees returned with  
18 interest. They should have been paid by the Government.

19 And I want legal proceedings instituted against those who perpetrated these  
20 atrocities against myself and other residents at Lake Alice.

21 **Q.** Thank you. If you just sit there and Commissioners may ask you questions.

22 **A.** Yeah.

23 **CHAIR:** Nic, we're not going to ask you anymore questions, you've been eloquent and everything  
24 you say here has just leapt out of the page because of your courage in coming to say it  
25 directly to us. It's quite obvious to all of us that you tried so hard to put Lake Alice behind  
26 you and the other awful times you had in residential homes. But that you were severely  
27 triggered by bringing it to light and that is the worst irony for me, that is the worst thing.  
28 You suffered so badly, you succeeded in your life, your description of life on the farm and  
29 your success at that time, and yet it was all brought down by trying to seek justice.

30 **A.** Yeah.

31 **Q.** And that seems to be the most inherently unfair thing. And so just to let you know that we  
32 recognise that coming here today is probably going to harm you again.

33 **A.** It will do for sure.

34 **Q.** And for that we are deeply sorry but enormously grateful. Because it's only your courage

1 and those of your other survivors who suffered that we can tell this story at last in the open.  
2 All I can say is that I hope you take whatever well-being support that we can offer you and  
3 that maybe some lasting effects from that can be felt. But I just urge you to look after  
4 yourself. I'm sure your loyal wife is going to help, but take strength, I mean you -- in all  
5 this awfulness, two big things have stuck out for me. And you've done both by yourself.  
6 One, when the Government or the State failed to give you an education, you taught yourself  
7 to read.

8 A. And write.

9 Q. And write. And the second thing, the alcoholism which overtook you, you have defeated  
10 that by yourself.

11 A. Not by myself.

12 Q. Well, you were helped, but you did it, you can't do it without yourself being right at the  
13 centre, and that shows real resilience and courage, and again, demonstrated by coming here  
14 today. So, our grateful thanks to you and, as I say, do take care and take whatever  
15 well-being we can help you to see you through this next few difficult days.

16 A. Thank you.

17 Q. Many thanks.

18 A. Thank you.

19 **CHAIR:** I think we'll take a brief adjournment and I think will we continue then with the next  
20 evidence?

21 **MS R THOMAS:** I think we will need the luncheon adjournment before the next witness, but we  
22 can come back much earlier.

23 **CHAIR:** We're going to take a break now, is that right?

24 **MS R THOMAS:** Yes, a lunch break.

25 **CHAIR:** Good, lunch, that's a good thing. Maybe you'll even have some garlic with your lunch  
26 today.

27 **MS R THOMAS:** Should we perhaps come back at 1.30?

28 **CHAIR:** Yes, I think we'll come back at 1.30. Before we go, Commissioners are very tired of  
29 giving people standing up and sitting down every time we come in and out, we think it's  
30 unnecessary. So if you can restrain yourselves, when we leave, please do not stand up, and  
31 please do not stand up when we come in again. You will be invited to stay sitting.

32 I saw some of you instinctively leaping up. It's time to learn that is not appropriate.  
33 We will stand at the beginning of our day for the waiata karakia and we will do the same at  
34 the end, but otherwise, please remain seated if you can discipline your selves to do that.

1 We'll take the lunch adjournment and we'll come back at 1.30.

2 **Lunch adjournment from 12.25 pm to 1.34 pm**

3 **CHAIR:** Ms Thomas.

4 **MS R THOMAS:** Thank you. The next witness is a Dr Barry Parsonson. He's seated here with  
5 his wife Jane-Mary.

6 **BARRY SINCLAIR PARSONSON**

7 **CHAIR:** Dr Parsonson, thank you for coming and thank you for supporting your husband. It's  
8 very brave of you to sit out there in full public glare.

9 Before we begin, I'm going to ask if you'll take the affirmation. Do you solemnly,  
10 sincerely and truly declare and affirm that the evidence you'll give before the Commission  
11 will be the truth, the whole truth and nothing but the truth?

12 A. I do.

13 **Q.** Thank you very much.

14 **QUESTIONING BY MS R THOMAS:** Thank you. Dr Parsonson, can you please tell us your  
15 full name?

16 A. Barry Sinclair Parsonson.

17 **Q.** And you are a clinical psychologist?

18 A. Yes.

19 **Q.** Just confirm for everyone's benefit that you have provided the Commission with a signed  
20 witness statement and that the Commissioners and everyone has read that statement and  
21 have it before them, so there may be some parts that we will highlight and other parts that  
22 we will move over, but just to know that it's been read.

23 A. Thank you.

24 **Q.** In terms of your qualifications and expertise, they are outlined on the first few paragraphs  
25 of your statement. They show your qualifications, your career and that you are a  
26 New Zealand registered clinical psychologist and you have published a number of articles,  
27 reviews and textbook chapters in relation to applied behaviour analysis?

28 A. That's true.

29 **Q.** Would you be able to please start your evidence by telling us all what Aversion Therapy is?

30 A. Essentially the aim of Aversion Therapy is to provide unpleasant consequences for  
31 behaving in a particular way. And in a sense it was developed in relation to Pavlov's theory  
32 of the conditioning and in the 1950s it became more popular as an approach to trying to  
33 change a range of behaviours, including alcohol consumption in terms for alcoholics, and in  
34 terms of homosexuality and some other behaviours that were considered inappropriate and

- 1           undesirable in society.
- 2   **Q.**    They were considered that way, that was back in the 1950s, did you say?
- 3   **A.**    That was the late 40s, 1950s, through into the 60s, it was becoming more increasingly used
- 4           in that way, yes.
- 5   **Q.**    Then into the 70s and 80s, what was the status of Aversion Therapy at that stage?
- 6   **A.**    Well, as time moved on, there were a number of issues that arose. Some of them were
- 7           ethical and some were in relation to the fact that it wasn't as effective as people had hoped.
- 8           They found, for example, with alcoholics that using drugs to induce an emetic response
- 9           after the consumption of alcohol, the delay was too great in order to effectively reduce a
- 10          person's alcoholism. The result's very patchy.
- 11 **Q.**    Moving on to paragraph 9 of your brief, could you tell us what types of behaviours has
- 12          Aversion Therapy been applied to?
- 13 **A.**    Typically these were behaviours, again homosexuality, transvestitism, alcoholism and
- 14          paedophilia were some of the behaviours that were attempted to be treated using Aversion
- 15          Therapy. Those typically, apart from alcoholism, tended to use electric shocks as the
- 16          treatment.
- 17 **Q.**    So some aversive stimuli have been electric shocks, what other types of aversive stimuli
- 18          have been used in this treatment?
- 19 **A.**    Chemical aversion, which was primarily the method that was used in relation to alcohol,
- 20          because they use an emetic drug, Disulfiram and even trying to encourage people to have
- 21          aversive thoughts was another method. Another chemical method was waving ammonia
- 22          under the nose, a nasty sort of sensation.
- 23 **Q.**    Now in your brief you have gone through some of those different types of aversive stimuli,
- 24          but for today's purposes we will focus primarily on electrical Aversion Therapy?
- 25 **A.**    Sure, yes.
- 26 **Q.**    So at paragraph 12 of your brief you talk about Electrical Aversion Therapy as a mild but
- 27          painful electric shock to be used. How are they used, how does it work?
- 28 **A.**    Well, the idea was that you had the person either behaving or thinking about the behaviour
- 29          of concern and at some point when they signalled that they were engaging in that, you gave
- 30          them a shock because the shock had to be really closely related to the behaviour of concern.
- 31          So, for example, someone with paedophile or homosexual thoughts had to signal that they
- 32          were thinking about those things and then they'd deliver a shock.
- 33 **Q.**    So that's in a situation where this is set up in a specifically targeted Aversion Therapy
- 34          programme?

- 1 A. Absolutely, yes.
- 2 Q. And I think in your statement you've used the word by "pairing" the delivery of the shock.  
3 What do you mean by that word?
- 4 A. Well, it has to be virtually simultaneous in order to ensure that the person identifies that this  
5 shock is being delivered in relation to that specific behaviour, because if you make it too  
6 dissimilar in terms of time, some other event may be going on in their head, or they may  
7 think it's being given to them for some other reason, and there's no association developed  
8 between the shock and the behaviour of concern.
- 9 Q. So the shock needs to be given effectively simultaneously with the target behaviour?
- 10 A. Absolutely.
- 11 Q. So in terms of the delay of minutes or hours or days, for example, if someone is behaving  
12 badly during the week and then waits for the Friday to be given an electric shock, how does  
13 that impact with the effectiveness of Aversion Therapy?
- 14 A. Well, I suspect that what happened is the person comes to -- the person who's given the  
15 shocks comes to feel quite antagonistic towards the person who's delivering it, so in fact,  
16 you know, you're training them to hate you.
- 17 Q. How does it impact on the target behaviour if someone, for example, has wet the bed and  
18 then the next morning or hours later they receive an electric shock and they're told this is  
19 for wetting the bed, how does that impact?
- 20 A. Well, first of all electric shocks for wetting the bed is not an effective bed wetting  
21 treatment. So it's inappropriate to deliver shocks for that. But also the delay means it's  
22 inappropriate, it's not going to work.
- 23 Q. So if someone is caught smoking, for example, and then along comes Friday and they're  
24 given some electric shock and told "This is for you smoking", how does that impact on  
25 their behaviour, the target behaviour of smoking?
- 26 A. Well, I suspect what they might do is learn to smoke in places where that person isn't  
27 present or other people aren't going to see them.
- 28 Q. It doesn't actually stop that behaviour?
- 29 A. It doesn't actually extinguish the smoking behaviour.
- 30 Q. Thank you. In terms of moving to paragraph 15 of your statement, you talk about  
31 equipment that's used in Electrical Aversion Therapy?
- 32 A. Yes.
- 33 Q. Can you tell us, take us through what types of equipment would be used when this is a  
34 therapeutic programme?

- 1 A. Certainly. By the late 50s early 60s the type of equipment was usually battery powered. So  
2 usually something in the order of 3 C-cell batteries, torch batteries would power the  
3 equipment to deliver a painful, an unpleasant shock, of maybe quite a lot of voltage, maybe  
4 700, 1500 volts, but very low amperage, so it wasn't as if they were getting a huge electric  
5 shock, but it was enough to be painful and unpleasant.
- 6 Q. And whereabouts would that shock generally be delivered to the participant's body?
- 7 A. The typical location was on the leg. I don't know which leg, but one leg or the other, most  
8 people had two.
- 9 Q. In your brief at paragraph 16 you refer to a quote from Marshall?
- 10 A. Yes.
- 11 Q. Who's written a book on Electrical Aversion Therapy. Could you read out those sentences  
12 that you've quoted from Marshall to us please?
- 13 A. Sure. "Marshall advises against the use of very intense or very painful shocks as both  
14 dangerous and therapeutically ineffective. Marshall notes that 'on no account should  
15 electrical stimuli be applied to the trunk of the body or the head'."
- 16 Q. Just in relation to Marshall's comment around the trunk of the body, would that include  
17 someone's groin and genital area?
- 18 A. I should think so, absolutely.
- 19 Q. And why, in your opinion, is Marshall saying that an electrical shock as part of Aversion  
20 Therapy should never be given to the head or the trunk of the body which includes the  
21 groin and genitals?
- 22 A. Well, the essence of the concern there I think would be that any cross-body shocking,  
23 shocking the brain isn't much -- in any way relevant to the Aversion Therapy. But also  
24 across the trunk the potential exists perhaps for disturbing heart rate and maybe causing  
25 harm.
- 26 Q. If electrodes are placed on a person's groin or genitals to deliver a painful electric shock, is  
27 that Electrical Aversion Therapy?
- 28 A. No.
- 29 Q. What is that?
- 30 A. It's a form of torture.
- 31 Q. To your knowledge has that ever been used as Aversion Therapy, have you seen any  
32 research on that?
- 33 A. There is no -- nothing that I've ever read in the literature, and at the time when I was  
34 studying as a student this was -- the literature was fairly prominent, and afterwards when I

1 was teaching in psychology I maintained an interest in the literature, there was never any  
2 publication that would have included that. I mean the only people who did that were state  
3 Organs of terror, namely the Gestapo is a good example.

4 **Q.** That would give someone electric shocks to their genitals?

5 **A.** Yes. I've read of people who received that sort of treatment from the Gestapo.

6 **Q.** Thank you. There is evidence before the Commission about boys receiving electric shocks  
7 to their genitals if they were caught masturbating or for homosexual acts. Can you confirm  
8 even when Electrical Aversion Therapy has been used historically to treat homosexuality,  
9 that the electrical shock paired with the behaviour, would it have been applied to the  
10 person's leg, historically?

11 **A.** Well, it certainly wouldn't have been applied to their genitals. The most likely location  
12 would be the leg or maybe an arm in some instances.

13 **Q.** Thank you. If we could turn to paragraph 17 of your brief. Over the next few paragraphs  
14 you outline some criteria that must be met in order to make Aversion Therapy actually  
15 therapy. I think you list four key criteria. Can you take us through those?

16 **A.** Certainly. I mean obviously the first one is that the person should be fully trained and they  
17 need to be both familiar with the literature and/or experienced in the application and in the  
18 procedures that are used. So that's a necessary first criterion. Secondly, there needs to be  
19 an assessment process so that there's a clear understanding and a definition of a behaviour  
20 to be treated, so that everybody's clear on exactly what this therapy is for.

21 **Q.** Would that be discussed with the patient in advance?

22 **A.** Normally it would require both discussion with the patient and also direct observation  
23 where appropriate of the behaviour of concern, so that you actually understand what we call  
24 the topography of the behaviour; what does this behaviour look like so that we know what  
25 it is we're treating.

26 **CHAIR:** Doctor, can I just ask a question, sorry, just intervening. When you say that there must  
27 be discussions with the patient and direct observation, is that direct observation by the  
28 person administering the treatment or could that person rely on third-hand or second-hand  
29 accounts of the behaviour?

30 **A.** Ideally it would be the person who's planning the treatment, because they need to  
31 understand exactly what it is they're treating. If necessary, under other circumstances,  
32 someone who was trained in observing behaviour could in fact observe it, describe it  
33 appropriately, but they'd need to be trained in how to do that.

34 **Q.** And I take it those observations would have to be carefully documented in a rigorous way?

1 A. That was my next point. I think there need to be a description, records of the observations,  
2 and then there need to be, during the treatment process, data maintained on how effective it  
3 is. Because at the end of the day, if it's not effective you stop doing it.

4 Q. Yes. Thank you.

5 **QUESTIONING BY MS R THOMAS CONTINUED:** Thank you Dr Parsonson. So just to  
6 clarify, the four key criteria was that there must be a trained therapist, there must be a  
7 determination as to whether the treatment is justified and that to be observed and discussed?

8 A. And consent.

9 Q. And the third one is this consent?

10 A. Yes.

11 Q. Can you tell us about that?

12 A. Well, the standard procedure is to ensure that the person has given informed consent, that is  
13 that treatment has been explained to them, any risks or hazards have been explained to  
14 them, and the potential benefits they understand so that in fact they are giving consent to  
15 treatment that they believe will be appropriate to their own needs.

16 Q. And then the fourth is the consideration you've discussed with the Chair, that things -- there  
17 needs to be records made and monitoring in terms of checking whether this is working?

18 A. Absolutely. I mean the essence of, you know, under which Aversion Therapy was  
19 developed in the 1950s was that this was a scientific intervention and so that it was  
20 essential to have data to demonstrate that in fact the treatment was efficacious.

21 Q. Just moving on to that as the next point in your brief at paragraph 22. In particular focus on  
22 Electrical Aversion Therapy here; does it work, is it effective?

23 A. Well, it was really being mainly tried on people with sexual deviations, as they were  
24 thought of in those days, and also people with very challenging behaviour. And so the  
25 outcomes were not necessarily always beneficial to the clients. It became less popular as a  
26 consequence of the fact that this lack of ongoing and regular evidence of effectiveness  
27 wasn't available. The fact that in essence the social morays were changing, people's  
28 understanding of treatment increasingly became the need to develop positive behaviours  
29 rather than trying to get rid of problematic behaviours, and also the fact that people in  
30 society change their views and opinions in relation to some aspects of sexual behaviour,  
31 whereas there wasn't so much of a challenge around transvestitism or homosexuality. It  
32 eventually became legal.

33 Q. In terms of ethical issues, this is at paras 23 and 24, of your brief, what are the ethical issues  
34 just in general associated with Aversion Therapy?

- 1 A. Well, I think those who were using Aversion Therapy began to realise that it was fairly  
2 unpleasant causing people pain. Additionally, in essence there was a concern that a  
3 therapeutic relationship typically has to be a positive one between the therapist and the  
4 patient, and giving people electric shocks didn't actually contribute much to a positive  
5 relationship between the therapist and the client. And I think that basically the lack of  
6 consistent effectiveness along with those things eventually made people realise that this  
7 wasn't really going to be an effective programme of treatment.
- 8 Q. You've said that Aversion Therapy was typically used as a last resort?
- 9 A. Yes.
- 10 Q. As a form of treatment. Why was that, was that for the reasons you've just outlined?
- 11 A. In part, it was a treatment of last resort primarily because people didn't have any idea what  
12 else to do. And so sometimes the alternatives were either, you know, a person's behaviour  
13 was life-threatening to themselves or others, or causing them personal damage, like serious  
14 head banging, huge, high levels of aggressiveness and so forth. And they were trying to  
15 manage those using Aversion Therapy where other types of therapy had failed.
- 16 Q. If Aversion Therapy is misused in a non-therapeutic way, what ethical concerns does that  
17 raise?
- 18 A. Well, I think this was another problem, is that it emerged in various places, particularly in  
19 the United States, that there was -- people were using aversion therapies in an unscrupulous  
20 and inappropriate fashion, and that also led to quite considerable concern about whether  
21 this was appropriate.
- 22 Q. Thank you. I'm now going to ask you some questions in relation to the evidence you've put  
23 in your brief about Operant Punishment?
- 24 A. Yes.
- 25 Q. But before I do that, the term that we've heard a bit about in, and the Commission has  
26 received evidence on, is this term "Aversion Therapy"?
- 27 A. Yes.
- 28 Q. Why have you talked about "Operant Punishment" in your brief?
- 29 A. Because my reading of the survivors' own descriptions of what was happening to them  
30 made it clear that they were in an environment which was heavily imbued with punishment  
31 and for some of them, in fact most of them, they associated either the so-called ECT or the  
32 shock treatments that they were receiving and the Paraldehyde and sometimes the  
33 seclusions, they were perceived as punishments. And so, I thought it was important to  
34 include some information in relation to Operant Punishment.

1 Operant Punishment is derived from Skinner's theory of Operant Conditioning.  
2 So, whereas Pavlov's theory of Classical Conditioning was the basis of Aversion Theory.  
3 I thought it probably important to introduce the notion of Operant Punishment because it  
4 relates primarily to behaviours which are not reflexes or -- but which are voluntary  
5 behaviours, like smoking, like fighting, those sorts of acts that were some of those that were  
6 punished by electric shocks and Paraldehyde and seclusion in Lake Alice.

7 **Q.** So at its simplest level, can you tell us what are the basic elements of Operant Punishment  
8 Therapy when it's used as a therapeutic programme?

9 **A.** Sure. Some of the people who were engaging in operant -- using Operant Punishment were  
10 using electric shocks in the early days. I'm talking here, the publications that I've read and  
11 the people that I've talked to, it was mainly somewhere in the late 60s.

12 The fact is that punishment is part of human life and it's used in a whole lot of  
13 environments, but in terms of the Operant Punishment there are a number of techniques that  
14 were developed that were to include things like time-out that would include response cost  
15 where you'd take something away. "You've been naughty, you can't have access to your  
16 bike for a week", that sort of thing, or you can't, you know, "You can't watch your favourite  
17 television programme", that's a response cost for being naughty. And there were some  
18 other techniques that were used like restitution, where you damaged something you had to  
19 help fix it.

20 **Q.** Was one of the techniques in terms of Operant Punishment Therapy also electrical --

21 **A.** Yes.

22 **Q.** -- stimulus?

23 **A.** In the early days that was tried. I think I've read probably about three studies in which it  
24 was used with young children who were putting themselves at high risk of harm and it was  
25 an attempt to try to stop that behaviour and replace it with alternatives.

26 **Q.** If we look actually on to paragraph 43 of your brief, you've outlined for us there the  
27 equipment used when it's an electrical Operant Punishment Therapy?

28 **A.** Yes.

29 **Q.** Can you take us through that, how is the equipment used here?

30 **A.** What people were using in those days was stock prods.

31 **Q.** Like a cattle prod?

32 **A.** Cattle prods. They delivered a painful, a brief painful shock, so again, powered by torch  
33 batteries typically, and probably somewhere between again, 1100, 1500 volts, but quite  
34 sharp and short. And those using them at the time described it as like a painful sting.

- 1 I guess my experience has been with electric fences because I've worked on a farm where  
2 the farmer thought it was a joke if he turned the fence on while I was setting it up. He  
3 didn't enjoy the same joke when I played it back on him, but, you know, it's a painful jolt.
- 4 **Q.** And in terms of that jolt, if this is an Operant Punishment treatment, what about delay in  
5 terms of the behaviour, what's the situation with that?
- 6 **A.** It's the same problem as with the Pavlovian conditioning that it has to be contingent on the  
7 display of the behaviour. In the studies that I've read they waited for the person to engage  
8 in the behaviour that was problematic, then they would deliver the shock while they were  
9 engaging in that behaviour to get them to stop behaving in that way.
- 10 **Q.** When this has been set up in a therapeutic programme, whereabouts would these shocks be  
11 delivered to the person's body, whereabouts on their body?
- 12 **A.** Well, in this case, as I understand it, it was typically on the legs or arms.
- 13 **Q.** Legs or arms. You've told us already in terms of the Aversion Therapy there were four key  
14 criteria that are essential to make sure the actions are therapeutic as opposed to anything  
15 else. Does this apply to Operant Punishment Therapy as well?
- 16 **A.** Absolutely.
- 17 **Q.** And are they the same four criteria?
- 18 **A.** Same four criteria.
- 19 **Q.** How effective was Operant Punishment Therapy?
- 20 **A.** Well, the persons who were using it at the time described it as -- one found it had some  
21 effect and enabled them to access the person's behaviour in such a way that they could  
22 change it in a more positive way, but they found that they didn't like giving a child shocks.  
23 In the case of Bimbrauer, who was one of the other authors, he found that it was initially  
24 effective but then it failed and so -- because they were trying to improve the circumstances  
25 under which a person with very severe disabilities, intellectual disabilities was being very  
26 aggressive and it managed to stop it briefly but it didn't continue to maintain that change in  
27 behaviour.
- 28 **Q.** And just like your evidence about Aversion Therapy in terms of Operant Punishment, are  
29 there any ethical issues with this?
- 30 **A.** They're very much the same ethical issues, because I think the challenges are that you can't  
31 build a positive relationship with a client, you can't actually use Operant Punishment as a  
32 means of producing positive behaviour. You have to actually start building new behaviours  
33 to replace the behaviours that are challenging.
- 34 **Q.** I'm now going to turn to the part of your brief which is at paragraph 49 in terms of

1 electroconvulsive therapy. Just from the outset you've noted there you are not a psychiatrist  
2 and you were not an expert in electroconvulsive therapy but you were asked to and you  
3 have made some comments on ECT in this brief to contrast the methods of ECT in  
4 comparison to Aversion Therapy and Operant Punishment?

5 A. That's true, yes.

6 **Q.** So just moving to paragraph 51, what was electroconvulsive therapy primarily used for in  
7 the 60s and 70s?

8 A. Well, I was training in a psychiatric hospital in the 1960s as a clinical psychologist and I  
9 was supervising students in the 1970s and working in a psychiatric hospital. And  
10 essentially, the primary use for ECT was persons with depression, and I suspect from only  
11 hearing from other people, that it's sometimes given to people who had some form of  
12 psychotic disorder as well.

13 **Q.** Turning to paragraph 54 of your brief, in relation to ECT, how was ECT used when its an  
14 applied as a standard medical procedure?

15 A. I didn't actually personally observe this, but I've spoken to former psychiatric nurses in  
16 relation to what they would consider to be appropriate ECT procedure, and essentially the  
17 person was -- A, they had to sign a consent form to receive the treatment, they had it  
18 explained to them what the treatment was about, and they also, prior to the application of  
19 the electrodes, they would receive a muscle relaxant injection and an anaesthetic and be on  
20 oxygen for recovery.

21 Sometimes the electrodes were put on both temples and sometimes they were  
22 unilateral, like putting it on the forehead on one side. It was sometimes throughout that  
23 unilateral had less effect on the person's confusion and memory problems after the  
24 application of the ECT.

25 **Q.** And when that procedure is carried out in that standard way that you've described, would  
26 the person lose consciousness during that treatment?

27 A. Well, they would lose consciousness with the anaesthetic, so they were unconscious at the  
28 time that the electrodes were activated using the equipment. That was regarded as, I guess,  
29 modified ECT. Unmodified ECT wouldn't include either the anaesthetic or the injection,  
30 the muscle relaxant.

31 **Q.** And in terms of unmodified ECT, at what point would the patient lose consciousness?

32 A. At the point at which a sufficient electrical impulse would pass through the electrodes.

33 **Q.** And if that was to be done in a standard procedure would the intention be that would be at  
34 the beginning, from the outset?

- 1 A. Normally, because, as I gather, people have different thresholds for induction of seizures  
2 from my reading of the literature. And therefore, sometimes what they did was they could  
3 increase the intensity of the shock just to establish where a person's shock threshold was so  
4 that subsequently they could deliver the shock at the threshold that would cause the seizure.
- 5 Q. I'm now going to move on to the next part of your brief. You have given us more evidence  
6 here in relation to ECT, but we'll just, in terms of time constraints, we'll move on to the  
7 next section which is you were asked to review some medical notes and some statements  
8 from complainants who had been in the Lake Alice Child and Adolescent Unit?
- 9 A. That's right, there were 11 of them.
- 10 Q. In the documents that you reviewed, and the medical notes, what treatments were recorded  
11 in the notes and reported in the statements? And you've listed those in paragraph 61(a).
- 12 A. Yes, they were sort of, I suppose, termed Ectonus Discussions. They were, you know,  
13 referral to Dr Leeks for Ectonus Discussions for Ectonus Therapy, or for Special Therapy,  
14 ECT Ectonus Discussions. It was sort of rather, I suppose, hiding the fact that these people  
15 were being given electric shocks for one reason or another.
- 16 Q. I think you've noted there in your brief that the use of electric shock was identified by  
17 Dr Leeks as Aversion Therapy?
- 18 A. Yes.
- 19 Q. But then these other subsequent -- this terminology was used, was Aversion Therapy like  
20 an umbrella term for these?
- 21 A. Aversion Therapy may have been what Dr Leeks thought he was using, he wasn't. And I  
22 think they were sort of umbrella terms to sort of hide the fact that these young people were  
23 being given shocks.
- 24 Q. Just on that point, you've talked to us so far about the standard procedure for Aversion  
25 Therapy, the standard procedure for Operant Punishment and the standard procedure for  
26 ECT. What, if any, of those, or particularly Aversion Therapy and Operant Punishment,  
27 was happening at Lake Alice from the information you've read?
- 28 A. Neither, neither of those, it was neither Operant Punishment nor did it meet the criteria for  
29 Aversion Therapy. It was just plain punishment.
- 30 Q. Over the next few pages of your brief you've gone into some detail around the medical  
31 notes that you've reviewed, but I'm going to ask you to turn to paragraph 107.
- 32 A. I'd just like to say I found those records of people's experiences very harrowing.
- 33 Q. Thank you.
- 34 **CHAIR:** You're not alone in that, doctor.

- 1 **QUESTIONING BY MS R THOMAS CONTINUED:** From paragraph 107 you've gone  
2 through and talked about the target behaviours that were recorded in the medical notes and  
3 in the complainants' statements.
- 4 A. Yes.
- 5 **Q.** Can you take us through those -- summarise what the target behaviours for treatment were?
- 6 A. Yes, typically misdemeanors like swearing, arguing, fighting, not complying with staff  
7 instructions, being cheeky or tardy, not eating meals, kicking a ball near the windows, some  
8 reported being punished for leaving the villa, absconding, for bed wetting, and for sexual  
9 behaviour such as masturbation and engaging in homosexual acts.
- 10 **Q.** So from your review of the records, those types of behaviours would result in what?
- 11 A. They would result in so-called ECT or shocks or Paraldehyde and sometimes seclusion.
- 12 **Q.** When you say so-called ECT, why do you refer to it in that way?
- 13 A. Because I think sometimes the equipment was misused.
- 14 **Q.** Now you've referred to punishment by ECT. When there was reference to punishment by  
15 ECT, what was that?
- 16 A. Well, it was unmodified ECT to the temples, but also shocks delivered to their knees, their  
17 thighs, their shoulders, hands or genitals. That doesn't really seem to me to be ECT, it may  
18 have been delivered by a machine that was designed for ECT, but it certainly wasn't ECT.
- 19 **Q.** And also, just in terms of Aversion Therapy, receiving shocks to someone's genitals area, is  
20 that Aversion Therapy?
- 21 A. No.
- 22 **Q.** What did you note from your review of the records, with relation to Paraldehyde?
- 23 A. Well, Paraldehyde wasn't given for medical reasons. Paraldehyde is an injectable  
24 medication which was used to, tranquillise patients who were either seriously aggressive or  
25 seriously disturbed. And it's very painful, it's very oily so when it goes into the muscle it  
26 stays there for some time and then begins to be distributed through the body, through the  
27 blood system. It was simply used as an instrument of pain, not as a medical treatment.
- 28 **Q.** What did you note in relation to seclusion based on the notes that you reviewed?
- 29 A. Well, seclusion was being placed in a bare and shuttered room with a mattress on the floor  
30 and a bucket for a toilet if you were lucky. And the behaviours described were for  
31 swearing, fighting, food refusal and disobedience, they range from half an hour of seclusion  
32 to several days. And sometimes transferred to the hospital's maximum security unit, at  
33 least in the case of one patient, for two to three weeks because they escaped. I think, you  
34 know, the "therapeutic", in inverted commas, regime itself encouraged escaping. I wouldn't

- 1 have wanted to stay there, that's for sure.
- 2 **Q.** In terms of the procedural issues or the treatment at this adolescent unit.
- 3 **A.** Yeah.
- 4 **Q.** You've said that it involved a regime dominated by punishment. Why do you say that?
- 5 **A.** Well, that's simply what it appears to have been. It didn't matter that they -- how they  
6 behaved inappropriately in the views of the staff or Dr Leeks, but the result was always  
7 some form of punishment. It wasn't until eventually a psychologist was appointed to the  
8 unit that they set up a sort of reward programme, which was quite amateurish from my  
9 reading of his description, but at least -- so primarily the whole organisation of the way the  
10 staff treated these young people was focused on punishing them for what was considered to  
11 be misbehaviour or inappropriate behaviour.
- 12 **Q.** And in terms of the four key criteria that must be metaphor something to be therapeutic, so  
13 whether it's Aversion Therapy or Operant Punishment Therapy, was there any evidence in  
14 the notes that you read to show that those criteria were met at the Lake Alice Child and  
15 Adolescent Unit?
- 16 **A.** No, I don't think any proper records were kept. I mean most of what we saw or what I was  
17 able to see was from nursing notes. There was no medical notes that I came across. I don't  
18 know whether they had somehow passed into the furnace at the hospital or whatever, but  
19 there was nothing available that suggested that the word "therapeutic" should be applied to  
20 what was happening.
- 21 **Q.** And in terms of ethical issues -- we're on paragraph 114 of your brief now -- did you note  
22 anything in relation to ethical issues of what was occurring from your reading of the notes?
- 23 **A.** There's no evidence of formal and proper diagnosis and assessment to justify the treatment  
24 that was given. There was no planned intervention. There was no evidence of any  
25 treatment data having been systematically recorded, analysed or reviewed in order to  
26 monitor the efficacy and to demonstrate benefits or harms of this treatment.
- 27 **Q.** In terms of Aversion Therapy in the 1970s, you said it was becoming a treatment of last  
28 resort. What was your opinion about whether that was true for Lake Alice?
- 29 **A.** Well, it wasn't Aversion Therapy, as I understand it. I can't actually believe that Dr Leeks  
30 was trained in Aversion Therapy and I don't believe that if he empowered the staff to be  
31 able to use this type of approach that they would trained in any way in Aversion Therapy.  
32 In fact, one of the nurses who had experienced programmes of Aversion Therapy in the UK  
33 made it perfectly clear that from his or her point of view they did not consider that there  
34 was anything appropriate about the way it was being done at Lake Alice.

- 1 **Q.** Paragraph 119 you've said that the regime was dominated by punishment -- a regime  
2 dominated by punishment cannot be justified as therapeutic.
- 3 **A.** No, because it's more likely to generate fear and anxiety and a wish not to be there. A  
4 feeling of hatred and anger towards those who were delivering it, and the fact that those  
5 people in authority represent the society out there make it difficult for any adjustment in the  
6 future to authority figures or medical services and so forth. So in fact it was preparing them  
7 for a life of rather nasty consequences for themselves.
- 8 **Q.** So as a result of this regime, people may subsequently have chosen not to seek out doctor's  
9 help, for example?
- 10 **A.** Yeah, I mean I think that -- I think the message at the time in terms of ethics was do no  
11 harm. Well, I think they failed on ethical grounds in that purpose. Left behind a whole  
12 series of people completely traumatised by their exposure to whatever was offered at Lake  
13 Alice.
- 14 **Q.** Just coming on to your summary of these three therapies, Aversion Therapy, Operant  
15 Punishment and electroconvulsive therapy at para 120 and 121, how did the procedures of  
16 the Lake Alice Child and Adolescent Unit compare with the procedures of a standard  
17 clinical application of Aversion Therapy?
- 18 **A.** They were nothing like it. There was no comparison at all.
- 19 **Q.** And is that because none of the elements or the essential elements that you've listed were  
20 present?
- 21 **A.** That's right, I mean it failed on all grounds. It could not have been a therapeutic process  
22 because it wasn't delivered in a manner which met any standard of therapy.
- 23 **Q.** And in relation to the delay aspect, you've noted at para 123 that sessions being arranged  
24 for the Friday when Dr Leeks was around. What do you have to say about that?
- 25 **A.** Well, you couldn't possibly establish any conditioned responses. And, you know, once a  
26 week isn't the way that proper Aversion Therapy, even when it was used, would be  
27 delivered. I mean it was done as a treatment over a period of time probably on a day-to-day  
28 basis rather than once a week, you can't have somebody anticipating, you know, unpleasant  
29 pain and so forth on a weekly basis as a therapeutic model.
- 30 **Q.** So if it wasn't therapeutic, what was it?
- 31 **A.** I think it's torture. I can't think of any other word to describe it. I mean Dr Leeks was an  
32 employee of the State, so in fact it probably matches a definition of torture from the United  
33 Nations.
- 34 **Q.** In terms of your paragraph 125, that's where you've mentioned in your opinion this was

1 closer to torture.

2 A. Yes.

3 Q. Than any known ethical form of therapy?

4 A. That's right.

5 Q. Just before we go on to your summaries in relation to Operant Punishment and ECT, I'd just  
6 like to bring up a document please which is NZP000308. This is a document, that's the first  
7 page of the document dated 14 September 2009.

8 A. Yes.

9 Q. It's sent from the -- it's on Police letterhead. If you could go to the last page just to show  
10 the author of the document. So this a document written by Detective Superintendent  
11 Malcolm Burgess.

12 A. Mmm-hmm.

13 Q. If you could go back please to the paragraph I'd like to bring up. I'll just read these  
14 paragraphs out so they're part of the record. "The third treatment which appears in the  
15 notes is what has since been charactered as Aversion Therapy. It appears this is referred to  
16 in the nursing notes as ECT, Ectonus or Ectonus Therapy. This apparently entailed the  
17 ECT machine being used on a different setting to the setting that would be used to deliver  
18 ECT. It involved the patient receiving an electric shock at a lower level of electric current  
19 as a means of modifying behaviour.

20 The location in which the electric shock was delivered during these treatments was  
21 apparently determined by the sort of behaviour that led to the application of the electrodes  
22 in the first instance. For example, boys who ran away might expect to have the electrodes  
23 applied to their legs, boys who were caught masturbating or offended in a sexual fashion  
24 could expect to have the electrodes attached to their penis or their testicles, and boys who  
25 were fighting might expect to have the electrodes attached to their shoulders. These  
26 applications of electric shocks are not recorded in the ECT notes but are often referred to in  
27 the nursing notes."

28 So this is a document authored by the officer in charge investigating this case back  
29 in 2009. Do you have any comment on these paragraphs which refer to Aversion Therapy?

30 A. It's not Aversion Therapy. It doesn't -- in fact, you know, it's no point in putting the  
31 electrodes on the parts of the body that were somehow related to the behaviour of concern.  
32 That isn't a standard procedure in Aversion Therapy and it still doesn't justify using shocks,  
33 especially on the genitals. It is not a therapeutic procedure, it's not Aversion Therapy.

34 Q. I'd now ask to bring up the next document please, which is ending in 19. Thank you. That

1 document we've just seen was then provided to some legal advisors to provide an opinion  
2 for the Police in terms of whether or not to continue with the prosecution. So the document  
3 we're looking at here is dated 14 December 2009.

4 But if you could go to the final page of the document please. So we're actually  
5 looking into a legal opinion that was written by a barrister in Christchurch, Mr Pip Hall,  
6 and if you could go to the paragraph to call out. I'll just read this into the record. Starting  
7 at the second sentence starting with:

8 "Dr Leeks will be able to call medical opinion that his use of ECT as Aversion  
9 Therapy was justified in the treatment of young patients in the 1970s who exhibited the  
10 mental and/or behavioural problems of the alleged victims."

11 Do you have any comment in relation to that statement made by the opinion  
12 writer?

13 A. Well, it concerns me that in fact only medical opinions were being sought, because most  
14 medical people, including some psychiatrists but not all, were not actually well informed  
15 about the nature of Aversion Therapy. But also, I guess the Mental Health Act 1969 and  
16 section 20 of the Crimes Act provided some sort of out in a legal sense. I'm just concerned  
17 that opinions were sought from people who didn't probably -- did not themselves use  
18 Aversion Therapy, or were not aware necessarily of all of the issues that relate to it.

19 Q. So reading this sentence, the one I read out and the paragraphs on the previous document, is  
20 there anything in those statements that would satisfy you that an Aversion Therapy expert  
21 had provided any advice?

22 A. Well, someone may have provided advice, but I'm not sure how -- I'm not informed enough  
23 about sections of the relevant acts to know how you could legally justify or claim immunity  
24 in relation to those. There must have been somehow it was seen to be possible.

25 Q. I'm asking more in relation to, for example, the previous document which referred to if  
26 someone is caught masturbating, therefore put the electrodes --

27 A. That couldn't be justified. I'm sure -- I can't understand how anyone who knew anything  
28 about Aversion Therapy could feel that that could be justified.

29 Q. Thank you. You can take those down now. Just coming back to your brief, your summary  
30 of Operant Punishment at paragraph 127, you've said that Operant Punishment involves  
31 contingent and contemporaneous application of the punishing stimulus. Is that what  
32 occurred at all at Lake Alice that you notice from the --

33 A. Well, I don't know how immediately sometimes Paraldehyde might have been delivered,  
34 but in terms of the electric shocks, certainly not.

- 1 **Q.** So you've said this treatment programme did not correspond or was certainly not Aversion  
2 Therapy?
- 3 **A.** It didn't reduce or eliminate the behaviours of concern because they kept doing punishment  
4 for it. So if it keeps happening it's not being effective as a treatment.
- 5 **Q.** And what you'd read from the notes, would that meet any of the criteria or the necessary  
6 criteria of an Operant Punishment --
- 7 **A.** No.
- 8 **Q.** -- therapy?
- 9 **A.** It would not.
- 10 **Q.** In terms of ECT, were the procedures at Lake Alice consistent with standard ECT  
11 procedures? This is at para 135 of your brief?
- 12 **A.** Well, from my understanding, again I emphasise I'm not an expert on ECT, but from my  
13 understanding of what would consider to be standard methods, it doesn't seem to be that Dr  
14 Leeks was conforming with it, and it seems very atypical that nursing staff were not  
15 supervised by a medical officer during the delivery of ECT, if that's what was being given.
- 16 **Q.** And you've talked about the use of unmodified ECT to deliver repeated and varied intensity  
17 shocks?
- 18 **A.** Yes.
- 19 **Q.** From your understanding does that conform with the standard ECT procedure?
- 20 **A.** No, it does not. So and also putting electrodes on other parts of the body than either the  
21 temples or unilateral is not ECT, it's delivering shocks to the person as an attempt to induce  
22 pain and discomfort as punishment.
- 23 **Q.** As punishment?
- 24 **A.** Yes.
- 25 **Q.** At paragraph 136 you've referred to the term "Ectonus Therapy" and "Ectonus  
26 Discussions"?
- 27 **A.** Yes.
- 28 **Q.** "Special Therapy". What have you noted about those terms?
- 29 **A.** Well, I thought it was just a cover term for the interventions that Dr Leeks was providing  
30 young people to justify this therapy.
- 31 **Q.** What do you mean by a "cover term"?
- 32 **A.** Well, I mean anyone reading the notes wouldn't necessarily know that this was a matter of  
33 delivering shocks to other parts of people's body as punishment.
- 34 **Q.** As punishment?

- 1 A. Yeah.
- 2 **Q.** A staff member from the Lake Alice Child and Adolescent Unit has provided the  
3 Commission with a signed statement. In that statement the staff member refers to a  
4 behavioural modification therapy described as the Ectonus. This staff member says that the  
5 Ectonus did not involve being shocked into a seizure or being rendered unconscious. The  
6 staff member said that Dr Leeks had said the electric shock was below the level of pain, and  
7 was therapeutic. And that staff member went on to say they are sure in their mind that what  
8 they saw during the sessions of Ectonus was not torture or punishment. Do you have any  
9 comment to make about that statement given your evidence about Ectonus being a cover  
10 term?
- 11 A. Well, it concerns me. If it's not going to be a painful shock, if it's below the threshold of  
12 pain it's not aversive, so it's not Aversion Therapy, that's for sure. And if it's below a  
13 certain level, it's not going to induce a seizure so it's not ECT. So I'm just wondering what  
14 that person thought they were providing in the way of a therapeutic outcome for this  
15 person.
- 16 I think the term Ectonus came from the company itself because the founder of the Ectron company,  
17 Dr Russell, included in the machine a way of varying the intensity of the shock which  
18 probably was meant to enable one to establish the threshold of -- at which one could induce  
19 a seizure. And I think the Ectonus Therapy was part of the process of altering the intensity  
20 to see at what level a shock could be induced.
- 21 **Q.** During that process the person's awake?
- 22 A. Possibly.
- 23 **Q.** Moving on to just finally now your conclusions at para 144. What is your opinion about  
24 the Lake Alice procedures that you've noted there?
- 25 A. Well, I've said there from a clinical and ethical perspective there are no scientific medical  
26 or therapeutic justifications for the use of electric shock, Paraldehyde or seclusion in the  
27 practises adopted and abused by Dr Leeks and the senior nursing staff at the unit in their  
28 treatment of children entrusted to their care.
- 29 **Q.** Have you made that statement from today's perspective or is it also reflective of the medical  
30 treatment standards of the 70s?
- 31 A. It should be considered in relation to the 70s as well, because the Hippocratic Oath requires  
32 people not to do harm, and harm is being done.
- 33 **Q.** If you could go on to read your conclusions at para 145 for us?
- 34 A. "At the very least, the actions of Dr Leeks and the unit staff was an abuse of power and

1 medical authority, an unjustified assault on the human dignity and rights of the young  
2 persons and an inhuman regime of maltreatment that induced fear, anxiety and terror as  
3 well as causing lasting emotional and physical harm to those forced to suffer the ordeal of  
4 Lake Alice Hospital at that time. In my opinion, the intended aim of these actions by  
5 Dr Leeks and senior nursing staff was not therapeutic, but as a means to punish a range of  
6 behaviours they deemed as undesirable, through the intentional use of force to induce pain  
7 as a punishment."

8 **Q.** Just if you could read through para 146 for us.

9 **A.** "In summary, there's no evidence in the Lake Alice documentation available to me that the  
10 procedures to which these children and young persons were in any way consistent with  
11 either Aversion Therapy or Operant Punishment procedures available from the published  
12 literature of the time. One way to describe what was done to these young persons in the  
13 name of treatment is that it was cruel and unusual punishment applied in ways that fit the  
14 UNCAT definition of torture set out below." [Applause]

15 **Q.** You've outlined the definition of torture from the UNCAT in your brief here. I won't get  
16 you to read that out, but can you read out paras 147 to us please.

17 **A.** "In my opinion, one issue for deliberation is where on the scale from maltreatment to  
18 torture does this unjustified exposure to institutional violence reside."

19 **Q.** And para 150.

20 **A.** "This is a matter for the Royal Commission of Inquiry to consider as it determines the  
21 outcome of its deliberations in respect of the treatment of the young persons sent to Lake  
22 Alice Hospital and the consequences of that maltreatment on each of them."

23 **Q.** Thank you Dr Parsonson. If you could just remain there, I understand that Ms Feint has a  
24 few questions for you.

25 **A.** Thank you.

26 **QUESTIONING BY MS FEINT:** Tēnā koe Dr Parsonson. My name is Ms Feint and I'm  
27 appearing for the Crown. I want to thank you for your helpful evidence. It's illuminated a  
28 lot of the background on Aversion Therapy and Operant Punishment and other  
29 psychological therapies.

30 And I was interested in what you said about the development and evolution of  
31 psychological research and academic thinking over the decades, and if I take you to  
32 paragraph 6 of your evidence, this is where you're giving some of the background into the  
33 development of Aversion Therapy and you say it was first developed in the late 1920s, and  
34 then you go on to say there was a resurgence which peaks between 1950 and 1970.

1           And then you say, "By the 1980s Aversion Therapy had become controversial on  
2 ethical and humanitarian grounds. You've already explained a bit about why that happened  
3 in answers to questions from my friend, but I wanted to ask you about how that happened.  
4 Is it a cumulative process of knowledge being developed by the academics and research  
5 scientists?"

6 **A.** I think what began to happen was that, you're correct, it was a cumulative process of  
7 realisation that the consequences of Aversion Therapy weren't as therapeutic as had been  
8 hoped in the initial rush to actually try to introduce a new and scientific approach to  
9 treatment, and that there was an increasing level of ethical concern both within the  
10 profession and in the community in relation to using painful shocks as a way of treating  
11 people. And the consequences for the therapist and the patient weren't always the sort of  
12 outcome that anyone would have wanted.

13 **Q.** So I'm interested that both in your evidence and in what you've said today, you quite often  
14 compare the ethical concerns with developing social norms. Do the two go hand in hand?  
15 Do changing social and community attitudes drive changes in understanding about what's  
16 ethical over time?

17 **A.** I think there's two things. One is that the therapists themselves found that being a person  
18 that's delivering unpleasant painful stimuli doesn't endear one to the client or make one feel  
19 good necessarily about one's self. But yes, I think then once the community began to get  
20 information on what sort of treatments were involved, there became a sort of wider  
21 discussion, that led to changes in ethical standards and concerns.

22           So certainly, most ethical standards at the time in the 1970s mentioned not doing  
23 harm. They didn't necessarily ban at that time Aversion Therapy, but they did say do no  
24 harm, which meant you had a responsibility to demonstrate that you weren't doing harm.

25 **Q.** Well, I guess that's why I ask, because looking at it through today's eyes, the idea of giving  
26 electric shocks to anyone as a means of modifying their behaviour appears abhorrent, I  
27 think everyone in this room would agree that. But it wasn't necessarily regarded as  
28 unethical until it seems the thinking coalesced by the 1980s; would that be accurate?

29 **A.** It certainly became much less evident in the 1980s. But I think really the question I've got  
30 is that Dr Leeks didn't use Aversion Therapy, Dr Leeks -- it doesn't match any of the  
31 criteria that one would consider appropriate for either Aversion Therapy or Operant  
32 Punishment. So we can't be talking about whether, you know, Aversion Therapy was  
33 becoming less talked about or was okay at the time, we have to think if he was doing  
34 Aversion Therapy it should have met at least basic criteria for being Aversion Therapy,

- 1           which it never did.
- 2   **Q.**    And your evidence is that the methods he applied did not equate to the understanding of  
3           what Aversion Therapy was?
- 4   **A.**    Absolutely. At no point did I see in any of the medical evidence any concern expressed  
5           about whether or not he had ever had any training in it.
- 6   **Q.**    So if I can take you to paragraph 41 and 42 of your evidence. These paragraphs weren't  
7           referred to by you earlier. Could I ask you to take us through what you say there please?
- 8   **A.**    In 41 I say, "The emergence and efficacy of alternative operant reinforcement and  
9           punishment procedures along with ethical and societal changes effectively led to the  
10          termination of the use of electric shock as a means of punishing behaviours of concern in  
11          published Applied Behaviour Analysis research and treatment programmes by 1972. It's  
12          doubtful that in the 1970s medical professionals, including psychiatrists, would have been  
13          aware of the extant Operant Conditioning research or of the fact that behavioural  
14          psychological research was increasingly demonstrating that behavioural alternatives to  
15          aversive shock therapies were more effective in facilitating behaviour change.
- 16   **Q.**    So if I could summarise my understanding of what you're saying there, you're saying that  
17          there's a lag effect in terms of clinical practitioners adapting to the research that's coming  
18          out of the research scientists and academics who are publishing in the field, would that be  
19          right?
- 20   **A.**    What I'm saying there is actually that in relation to Operant Punishment, is that Dr Leeks  
21          wouldn't have been any way informed by that research, because typically the research was  
22          published in journals that wouldn't have been read by the medical profession.
- 23   **Q.**    Right. But also in terms of the timing, is it right to think of the late 1960s, the early 1970s  
24          as being on the cusp of change in psychological methods in terms of moving towards more  
25          positive behavioural modification therapies?
- 26   **A.**    Yes, there were practitioners who went on using aversive shock in one way or another into  
27          the 80s and even into the 90s. But those were pretty, either infrequent or in common or  
28          only used in life threatening behaviours. I don't think anyone at Lake Alice was in a  
29          life-threatening situation.
- 30   **Q.**    Can I take you now to a document that's in the document bank and I'll give the number for  
31          the sake of the record, it's CRL000827900011. When you prepared your evidence, did you  
32          look back at the opinions provided by psychiatrists in 1977 concerning Lake Alice?
- 33   **A.**    I looked at -- well, I was given some, for example by -- one by Dr McLachlan, but I wasn't  
34          given this particular document.

- 1 **Q.** So this document, if we just orientate ourselves, it's from the psychiatric unit of Wellington  
2 Hospital dated 18 November 1977. And then if we go down to the end we can see it's  
3 signed by Professor FJ Roberts who's a professor of psychological medicine. So you  
4 haven't reviewed this document?
- 5 **A.** I've read it, I was only given it today.
- 6 **Q.** If we can go to the bottom of the first page please and maybe if I read this out, to read it  
7 into the record. I wanted to ask you to comment on what he says here, so he's been asked  
8 by the Medical Council to prepare an opinion based on a complaint from a Lake Alice  
9 patient. And he says here:
- 10 "There are a number of comments which I would make on the account which we  
11 have of the particular treatment in 1973. Around the time when this treatment was carried  
12 out, there were still a number of enthusiastic practitioners of these methods around the  
13 world. The majority of leaders in this field worked in university situations where they were  
14 able to bring a degree of scientific rigour to their methodology. Various claims were being  
15 made around this time which led many psychiatrists to believe that this form of treatment  
16 was indeed effective for a number of conditions, including homosexuality. There are few  
17 people today who are writing in the same enthusiastic way and many of the previous  
18 enthusiasts now write with great caution, pointing to the many other factors which have an  
19 effect in this kind of treatment situation."
- 20 I should have said, so that I don't completely confuse everyone, that it's clear from  
21 the body of the letter that he's talking about Aversion Therapy. So what I wanted to ask  
22 you was, do you agree with his summation of the position as at 1973?
- 23 **A.** I'm sure he was well-informed in relation to that. The only question I've got is of course  
24 that Dr Leeks wasn't providing Aversion Therapy, he was providing electric shocks, but  
25 wasn't in any therapeutic sense, it didn't meet any of the criteria of therapy. So I can't  
26 dispute the good professor, but he's also a bit concerned in this letter about some of the  
27 things that Dr Leeks has done.
- 28 **Q.** So if I understood your answer correctly, you're not disputing what he's saying about  
29 Aversion Therapy, but your argument is that's not what Dr Leeks was applying?
- 30 **A.** Exactly.
- 31 **Q.** Although it's not clear that Professor Roberts thinks that, is it? He seems to have some  
32 concerns, but he's not --
- 33 **A.** I'm not sure that Dr Roberts had read anymore than one or two of the survivors'  
34 documentation, so I don't know from which base he's giving his opinion. He's obviously

1 not enthusiastic himself about Aversion Therapy, but I think he's set out very clearly that in  
2 fact what should happen if you were doing Aversion Therapy, it's just that Dr Leeks wasn't.

3 **Q.** But he also -- let's just step through this. If we go to the next paragraph, so Professor  
4 Roberts goes on to say:

5 "Dr Leeks talks about the amount of current which he used as the noxious  
6 stimulus. Unfortunately he does not tell us of the voltage concerned and therefore we  
7 cannot make any accurate assessment of the amount of energy which was used at any one  
8 time. The amount of energy is the critical factor in producing the stimulus."

9 That's correct, isn't it, that we absolutely -- we actually don't know what current  
10 Dr Leeks was using in his treatment?

11 **A.** Well, he has, Dr Leeks in various places has said it's between 120 and 170 volts, but not in  
12 some of the other documentation when he's made statements. But I don't know what the  
13 amperage would be, so again, it's the intensity of the shock that is important. But Dr Leeks  
14 typically says that it's below the threshold of pain. That's not consistent with what the  
15 survivors say.

16 **Q.** Did you review Dr Leeks' statements in preparing your evidence?

17 **A.** Yes.

18 **Q.** So were you aware that in his letter to the Medical Council he identified aversive stimulus  
19 of between 5 and 10 milliamperes?

20 **A.** Yes, that's the amperage, yeah.

21 **Q.** So if he's telling the truth about that -- and I accept that's a big if -- would that be an  
22 appropriate stimulus in terms of --

23 **A.** It's probably consistent with what the equipment would deliver. Because you're not really  
24 trying to give people powerful -- it's not like sticking your fingers into the, you know, into  
25 the light fitting without the bulb there and turning the switch on. So the amperages are  
26 managed in order to not deliver huge electric shocks, but that didn't -- the intention is that  
27 while the voltages are high, they're painful and unpleasant, but it's not life-threatening.

28 **Q.** So is it your understanding that between 5 and 10 milliamps is consistent with the research?

29 **A.** That's probably reasonably consistent with what others were using, yeah.

30 **Q.** All right, thank you. So then my next question was if we go down two paragraphs to the  
31 bottom of the page he goes on to say:

32 "I think it is also of some significance that the boy identified the machine used by  
33 Dr Leeks as the ECT machine. That this machine was modified to give a different kind of  
34 electrical stimulus was not clear to the boy from his account and this of course raises the

1 problem of exactly what the boys thought they were doing."

2 So are you able to explain for us whether its known that the machine was modified,  
3 because there seems to be some suggestion or some evidence that's been put forward to the  
4 effect that there were two different modes of operating the machine?

5 A. I think, you know, one would really want to see the machine itself. Dr Leeks implies that  
6 there was a different aspect to it. The boys describe turning the voltages up and down, so  
7 that was part of the Ectonus-type treatment component. But I don't know what other  
8 variations there would have been in the equipment, so I'm not really a competent person to  
9 answer that.

10 Q. Right. But when you analysed -- you've analysed the treatment of 11 of the survivors?

11 A. Yes.

12 Q. And so you've reviewed their statements and also the medical notes to the extent that they  
13 are available; correct?

14 A. I've had mainly nursing notes, very little in terms of medical notes, yes.

15 Q. And that's because many of them are missing?

16 A. Exactly, yes.

17 Q. And the medical notes that were available, how -- they were -- the ones I've seen are very  
18 sparse, there's no information on the way the treatment's administered; correct?

19 A. No, and one worries, you know, sparse notes suggest not much wants to be disclosed.

20 Q. Yes, because there's no information on what current was used in the notes, is there?

21 A. Exactly, yeah.

22 Q. And in fact it's not even really possible to tell, is it, whether ECT was being administered or  
23 so-called Ectonus or Aversion Therapy, because the notes don't appear to distinguish  
24 terribly well between those?

25 A. Exactly.

26 **CHAIR:** Are you going to leave this document Ms Feint?

27 **MS FEINT:** I have left the document.

28 **CHAIR:** But it's still here, so before it runs away, before it's gone might I ask a question?

29 **MS FEINT:** Yes of course.

30 **CHAIR:** I'm going to have trouble finding this, but, yes, in the centre of that page I wonder if you  
31 could call up the paragraph that says "It should be clear." Can you read that doctor?

32 A. Yes, I can thank you.

33 Q. Would you like to read it out?

34 A. "It should be clear from these comments that the actual technical requirements for this kind

1 of treatment are far from straightforward. Personally, I believe it is absolutely essential in  
2 treatments of this kind, and I am not alone in my belief, that in order for the treatment to be  
3 effective, then the subject needs to give his agreement to the treatment and to desire to  
4 change." I think that's a very important point.

5 **Q.** Thank you. Do you agree with that?

6 **A.** I agree entirely.

7 **Q.** Thank you.

8 **QUESTIONING BY MS FEINT CONTINUED:** I think I only had one more question,

9 Dr Parsonson. That was when you prepared your evidence, did you review the staff  
10 witness statements?

11 **A.** Yes.

12 **Q.** You did, all right. Thank you very much for your very helpful of the, no further questions.

13 **CHAIR:** Is there any other counsel who wish to ask questions of this witness? Thank you.

14 **MS R THOMAS:** Perhaps if we take the afternoon tea adjournment.

15 **CHAIR:** If that would suit you, before we excuse this witness?

16 **MS R THOMAS:** Yes, sorry, we're finished with this witness now.

17 **CHAIR:** We're finished with this witness?

18 **MS R THOMAS:** We are.

19 **CHAIR:** There may be some questions from the Commissioners. Just a few questions from the  
20 Commissioners if you don't mind.

21 **COMMISSIONER GIBSON:** Thank you, Dr Parsonson, it's been intriguing to listen. Looking  
22 at the international context, from your reading, you've described what's happened as torture,  
23 you've made comparisons with Gestapo. Are you aware of any other health or therapeutic  
24 environments where this kind of punishment regime has happened and has there been a  
25 defence of therapy of different kinds?

26 **A.** As I understand it, there was an institution in Alabama, a youth institution which was  
27 mainly for youth who had been involved in criminal offending, and this is probably again in  
28 the 1970s, where the maltreatment was not too dissimilar in terms of the way that shocks  
29 were used, and there was an inquiry into that and I understand great concerns were  
30 expressed and the institution was closed down. I don't have a clear -- I spoke to a colleague  
31 in the United States who had some familiarity with the events, but I don't have, you know, a  
32 clear personal understanding. That was one institution.

33 There was another called the Judge Rotenberg Centre in the United States which  
34 was treating people with autism and they were using electric shocks up into the 1990s,

1 mainly in an attempt to change behaviours like fighting or aggressiveness and so forth.  
2 And they had little devices that staff could hold that gave a shock to the person on their arm  
3 or leg. That became the subject of a number of court cases in the United States and  
4 restraining orders were imposed. So I think it eventually closed down probably around  
5 2000. Those are some of the problems with the use of aversive shock is that people misuse  
6 it.

7 **Q.** Were you aware of criminal prosecutions or anything to that effect?

8 **A.** They did happen, as I gather in the United States, yes. Criminal prosecutions were  
9 undertaken, but again, I say I'm not absolutely clear on the nature and terms of that.

10 **Q.** Thank you.

11 **COMMISSIONER ALOFIVAE:** Thank you Dr Parsonson, just a couple of questions, and thank  
12 you for providing such a clear explanation in your evidence around Aversion Therapy and  
13 ECT. Doctor, we've heard in evidence both in this hearing and in our private sessions the  
14 ages of the children and you would have seen some of this in the notes that you've  
15 reviewed.

16 **A.** Yes.

17 **Q.** The ages were on one occasion as young as five years old?

18 **A.** Yes.

19 **Q.** And you may not be able to answer what I'm asking, but certainly appreciate your opinion  
20 if you're able. First of all, as young as 5 and then at another end we've heard evidence  
21 today that a friend of a patient or a survivor that was in Lake Alice, one of their friends  
22 passed away, they felt as a result of the ECT. Just your views on the plausibility?

23 **A.** I think that those are very frightening events. I've never heard of ECT ever being given to  
24 children, I mean how do you assess depression or psychosis or whatever sorts of things you  
25 might medically justify the treatment for in someone that young. It's not possible. And I  
26 think that misuse of the equipment could lead to someone dying, you're giving electric  
27 shocks. And people do die with epilepsy in the midst of seizures, so you're imposing a  
28 seizure on a person. So who's to know, there may be other reasons, swallowing your  
29 tongue and not breathing, you haven't had a proper anaesthetic, you're not given oxygen  
30 afterwards. So those are real risks I would have thought.

31 So I'm sorry, but I felt really concerned -- I thought too one of the people who  
32 gave evidence today via film said they were being given ECT for epilepsy. I mean you're  
33 causing an epileptic seizure for someone who has epilepsy and you think it's going to cure  
34 them? I couldn't see any possible justification for that unless the person was misinformed

1 and that was used as an excuse to give them ECT.

2 **Q.** Thank you, that was my next question was around epilepsy, much appreciated.

3 **CHAIR:** It was also going to be mine so you've trumped both of us. The only question I have for  
4 you, doctor, is the use of the unmodified treatment. And in a part of your evidence, which  
5 you didn't read out, but you refer to the fact that initially when it was first started, ECT was  
6 given in unmodified form.

7 **A.** Yes.

8 **Q.** But over the time effective anaesthetic muscle relaxant drugs had been developed and used  
9 since the late 1950s in modified form?

10 **A.** Correct.

11 **Q.** So is it your evidence that since the 50s modified ECT has been the norm rather than  
12 unmodified?

13 **A.** Well, I was training in psychiatric hospital in 1960s, in the mid 60s and the normal  
14 procedure for ECT there was still to use an anaesthetic and provide oxygen afterwards,  
15 muscle relaxants as well. So those were the standard treatments back in the 1960s. I can't  
16 see why in the 1970s, if you were giving ECT for depression or some properly diagnosed  
17 process, you wouldn't have given modified ECT. In fact, some young people describe  
18 having been given modified ECT but not by Dr Leeks. So obviously other psychiatrists  
19 were using ECT in what was considered then to be an appropriate therapeutic mode.

20 **Q.** So, just to state the obvious, are there any circumstances in your mind, whether in the 60s,  
21 70s, or today, there is a justification for using unmodified ECT?

22 **A.** I can't honestly answer that question because I'm not an expert on ECT, I don't want to  
23 pretend to be, so I would be cautious in responding.

24 **Q.** You'd be cautious about that. Just one last thing, that is that you said in your evidence that  
25 you can't believe that Dr Leeks was trained in Aversion Therapy. It may be that everything  
26 you've said subsequently supports that, but I think it's an important point. Can you just  
27 succinctly state why you believe that he was not trained?

28 **A.** Well, first of all there's one point in some of his own statements that he says he was trained  
29 in Psychodynamic Therapy and that he was only doing this, the job of a psychologist, until  
30 they got one in the unit. And I'm assuming that what he was referring to was the fact that  
31 psychologists were probably better trained in having some understanding of Aversion  
32 Therapy than he was.

33 And anyone who had been properly trained in Aversion Therapy would have done  
34 things very differently, in fact even one of the nurses who had experienced that in the UK

1 noted that what was happening didn't actually meet any adequate standards of therapy. So I  
2 think I've got someone else out there who agrees with me.

3 **Q.** Who agrees with you. All right. I just need to thank you sincerely. I appreciate this  
4 evidence comes at a long career, you're long retired and you have put this work into this  
5 and I'm very grateful to you for bringing your expertise to us.

6 **A.** I have to say I'm not retired.

7 **Q.** Oh you're not retired?

8 **A.** No.

9 **Q.** I assumed all people with white hair were retired. Sorry.

10 **A.** I've been threatening to retire but no-one will let me.

11 **Q.** What I want to say is that this evidence, and you will have noted from the applause, has  
12 given some comfort and validation to the witnesses who have given their evidence, and  
13 whose reports you have read and accounts you've read, and so I'm sure on their behalf I'm  
14 going to give thanks, but you've also added a level of expertise which is essential to us in  
15 our deliberations. So thank you very much and again thank you to your wife for being a  
16 loyal companion during this difficult time.

17 **A.** Thank you. I'm pleased to have been able to give any assistance that I could, thank you.

18 **Q.** Lovely thank you. [**Applause**]. On that note we'll take the afternoon adjournment.

19 **Adjournment from 3.16 pm to 3.33 pm**

20 **MS FINLAYSON-DAVIS:** Good afternoon, Commissioners. The next witnesses are Mike  
21 Ferris, Victor Boyd and Bruce Gibson, who are members of the Citizens Commission of  
22 Human Rights. They're represented today by Moira Green. I'll allow her to introduce  
23 them.

24 **MS GREEN:** My name is Moira Green and I'm counsel for the Citizens Commission on Human  
25 Rights. I'll make a very brief opening. The Royal Commission is now going to hear from  
26 the Citizens Commission on Human Rights, or CCHR to use the abbreviated title. The  
27 witnesses are Mr Bruce Gibson, Mr Victor Boyd and Mr Mike Ferriss. And they will talk  
28 about their personal experiences about events regarding Lake Alice and the Lake Alice  
29 survivors, from the period 1976 until the present day. You will hear about their meetings  
30 with child patients at Lake Alice and their support of survivors throughout the decades from  
31 the 70s to today.

32 You will hear about their persistent efforts and their work through the various legal  
33 processes and institutions throughout the decades culminating in their submissions to the  
34 United Nations, and you'll hear first from Mr Bruce Gibson.